

PUBLIC POLICY FACILITATING MEETING

DATE: October 1, 2008

TIME: 4:30 - 6:00 p.m.

LOCATION: WELLS FARGO CENTER FOR THE ARTS
Carston Cabaret
50 Mark West Springs Road
Santa Rosa, California 95404

REPORTED BY: MEGAN F. ALVAREZ, RPR
Certified Shorthand Reporter
License No. 12470

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1 PUBLIC POLICY FACILITATING COMMITTEE:
2 Supervisor Tim Smith, Chairman
3 Supervisor Paul Kelley
4 Lee Howard
5 Dick Butler
6 Carre Brown
7 Bob Anderson
8 Mike Dillabough
9 Lieutenant Colonel Laurence Farrell
10 Supervisor Michael Delbar

11
12 PANEL MEMBERS:
13 Dr. Bill Hearn
14 Pam Jeane
15 Jessica Martini-Lamb
16 Bob Coey
17 David Manning
18 Anne Crealock

19
20
21
22
23
24
25

1 OCTOBER 1, 2008 - WEDNESDAY 4:30 P.M.

2 P R O C E E D I N G S

3 --o0o--

4 CHAIRMAN TIM SMITH: Good afternoon and
5 welcome. For those folks who are conversing or on their
6 cell phones or whatever, if you would cease that
7 activity and kindly have a chair, I would appreciate it.

8 My name is Tim Smith. I'm the chair of the
9 Public Policy Facilitation Committee, and also member of
10 the Sonoma County Board of Supervisors, and I would like
11 to welcome all of you today for what is, I think, a
12 historic moment. Most of you realize that this work has
13 been going on for 11 years now. And if you ever need
14 anybody to chair a meeting to get some product out, I
15 would suggest calling somebody other than me. It's
16 taken a look long time, but I think that the final
17 product is well worth waiting for.

18 First of all, a few ground rules, we do have
19 speaker cards available, and you can obtain those and
20 turn them into either Renee Weber in the back of the
21 room, or Ann DuBay, who is right there. And we'll try
22 to take those cards up at the end of the meeting.

23 I'd just like to tell you in advance that
24 we've got a lot of information to go through and
25 understand that most people have not had an opportunity

1 to actually review the biological opinion. And we are
2 going to have an ongoing public dialogue, which will be
3 explained later on in the agenda, so don't feel that if
4 you don't have a question today to ask, don't feel bad
5 about it because there will be plenty of opportunities
6 down the road.

7 Also, just for a note of clarification, this
8 is not typically like explaining an environmental
9 document. This is a final document prepared in
10 cooperation with the National Marine Fisheries Service,
11 Corps of Engineers and County Water Agency, and what we
12 have is the product of some 11 years of work.

13 And hopefully, we can take advantage of all
14 the information in there and figure out ways so that we
15 can implement it.

16 And before I go on any further, I'd like to
17 introduce -- have our panel of people up here, the
18 committee introduce themselves.

19 And maybe, Carre, you could start so we know
20 who everybody is?

21 CARRE BROWN: Carre Brown, Mendocino County,
22 Mendocino County Farm Bureau.

23 DICK BUTLER: And I'm Dick Butler with
24 National Marine Fisheries Service. I'm the area office
25 supervisor here in Santa Rosa.

1 LEE HOWARD: Lee Howard, Russian River Flood
2 Control and Water Conservation Improvement District.

3 SUPERVISOR PAUL KELLEY: Paul Kelley, Sonoma
4 County Supervisor, Sonoma County Water Agency director.

5 SUPERVISOR MICHAEL DELBAR: Michael Delbar,
6 Mendocino County Supervisor, Mendocino County Water
7 Agency.

8 LT. COL. LAURENCE FARRELL: Lt. Col. Laurence
9 Farrell, commanding officer, United States Army Corps of
10 Engineers, San Francisco District.

11 To my right, Mr. Mike Dillabough, San
12 Francisco District, and he's directly responsible for
13 the safety and operation of the Lake Sonoma and the
14 Mendocino Park and Dam.

15 BOB ANDERSON: Bob Anderson, North Coast
16 Region, Water Quality Control Water Board.

17 CHAIRMAN TIM SMITH: Very good. Thank you.

18 And also, just to make you all aware when you
19 fill out your speaker cards at the end of the meeting,
20 we do have a court reporter who would appreciate your
21 name and any affiliations you might have as well.

22 And before the formal presentation begins,
23 just a little history for you in case some of you aren't
24 familiar with this process. There was a memorandum of
25 understanding signed with Sonoma County Water Agency,

1 Corps of Engineers, and the National Marine Fisheries
2 Service in December of 1997 just goes to show that Rome
3 wasn't built in a day.

4 The purpose of the MOU is to establish a
5 framework for the consultation and conference required
6 by the Endangered Species Act in regard to how flood
7 control and water supply projects affected endangered
8 steelhead, coho salmon and eventually chinook.

9 Now, the PPFC was created as part of that MOU
10 to serve as a sounding board for the Section 7 process.
11 Normally, the Section 7 process or processes are closed
12 consultations. So the fact that we're having this
13 meeting and the PPFC was created is kind of new thing,
14 and I think it afforded a lot of public interaction over
15 the last 11 years. This is, in fact, the 20th meeting
16 of this body. Interestingly, I've been here 20 years
17 and there have been 20 meetings. I don't know if that's
18 a sign of the time or what.

19 In the decade since the process began, the
20 water agency in cooperation with other agencies and
21 private consultants have completed several studies of
22 different aspects of water and flood control operations
23 in regard to how it affects the fish. Based on these
24 studies, the biological assessment was written by the
25 consulting firm, Entrex, and released in late 2004.

1 National Marine Fisheries Service took this
2 voluminous information back to the shop and last week
3 released a biological opinion which is the subject of
4 our meeting today.

5 And before we even start, I'd like to thank
6 them for -- Dick promised me a Christmas present last
7 year and pointed out that -- we didn't quite make last
8 Christmas, he told us all the specifics, in fact, this
9 Christmas, so I appreciate it.

10 And before we get into the details of the
11 biological opinion, there are many, many people to thank
12 for the development of this document and far too many
13 for me to name. But we do have some, and I'd like to
14 start with Lt. Farrell who may have a word to say and
15 may have somebody who he wants to acknowledge, but
16 certainly, the Corps of Engineers was a vital partner
17 and a friend.

18 Do you have any comments or --

19 LT. COL. LAURENCE FARRELL: No. Obviously,
20 it's been a long time coming to collaborate on among the
21 agency. I look forward to good work and moving the
22 process forward.

23 CHAIRMAN TIM SMITH: I appreciate that. And
24 Rod McGinnis, regional administrator for National Marine
25 Fisheries Service.

1 MR. MCGINNIS: Yes. Thank you for this
2 opportunity. And just a couple of words, first of all,
3 it has been a long haul. It's been a very complex
4 project, and there have been a lot of people engaged in
5 this, and congratulations to all of those who were
6 engaged.

7 I particularly want to recognize the local
8 community leadership and your leadership, Supervisor
9 Smith, Delbar and Supervisor Kelley as well.

10 It's difficult to sometimes find the
11 leadership on the local level that can transcend some of
12 these issues, and you folks have filled that need along
13 with other community leaders.

14 So thank you and looking forward to the
15 presentations.

16 CHAIRMAN TIM SMITH: Very good. John
17 McCamman, Chief, Chief Deputy Director, California
18 Department of Fish and Game.

19 John?

20 MR. MCCAMMAN: Thank you very much,
21 Supervisor.

22 By the way, I just want to congratulate you on
23 a process well -- or a product well-earned out of a
24 process which has engaged a number of people over many
25 years. I know it's been very difficult. It's very

1 contentious, and our department has been proud to
2 participate with you to come to this point and look
3 forward to moving it to through the next steps in the
4 process.

5 CHAIRMAN TIM SMITH: Thanks for being here,
6 John.

7 Lee Howard, Mendocino County Russian River
8 Flood Control and Water Conservation Group, but you
9 can't say that fast.

10 LEE HOWARD: I know. And, again, it's been a
11 long process and Barbara Spazik has been a person that
12 has worked on it, yeah, and helped and participated. I
13 think there's still a lot to do. This is just the --
14 this is the start of it really. And to see how it's
15 going to shake it out is going to be interesting to all.

16 CHAIRMAN TIM SMITH: Very good. And I would
17 just like to add my thanks to the water agency staff who
18 have been incredible, stepping out in the leadership,
19 Randy Pool and Renee Weber, Pam Jeane, Dave Manning, and
20 certainly somebody from Mendocino County stole Sean Wake
21 from us.

22 SUPERVISOR PAUL KELLEY: That's how long the
23 process has been going on.

24 CHAIRMAN TIM SMITH: Lisa, I mean, we've got
25 names of people a mile long, and we certainly thank

1 them, and they should all be acknowledged for their
2 great work and helping them forge this final document.

3 And I think with that, we will move on and ask
4 Dick Butler to keep it off and take us through the
5 process.

6 DICK BUTLER: Thank you, Supervisor Smith.

7 Indeed, this was a large and complex project
8 for us -- for the Santa Rosa staff to put it altogether
9 in the end here, and we're here to begin the next phase
10 which is the implementation of these changes.

11 I'm personally excited, actually, and
12 encouraged that we may actually be able to pull Central
13 California coastal coho salmon back from the very brink
14 of extinction. They're just about blinking out in this
15 watershed, and we are -- with the conservation measures
16 contained in the BO, I'm confident that we can bring
17 them back.

18 We've been working on a parallel process and
19 that's the development of recovery plans. And the first
20 one, and the farthest along is the Central California
21 Coast coho recovery plan. And that plan and the work
22 that we've done, that leads us to the conclusion that
23 the Russian River basin is key to recovery of that
24 particular management unit along with Lagunitas Creek,
25 Gualala River, Walker Creek and Redwood Creek

1 watersheds.

2 Out in the lobby, we've got a map of the North
3 Central California coho recovery domain. If you'll take
4 a look on your way out or sometime during the meeting,
5 you can see that the Russian River is central to this
6 particular evolutionary significant unit as what we call
7 it. Kind of like -- management unit is good enough.

8 Before I get talking about the biological
9 opinion, we must start -- I think we need a little
10 background on the Endangered Species Act. So -- that
11 drives this process.

12 The purposes of the act is stated in Section
13 2B of the act, and it says, "The purposes of this act is
14 to provide a means whereby the ecosystems upon which
15 endangered species and threatened species depends may be
16 conserved, the ecosystems upon which they depend. We
17 all want healthy ecosystems not just for fish but for
18 people as well. And healthy ecosystem provides, among
19 other things, a safe and reliable water supply."

20 Section 7 of the ESA or the Endangered Species
21 Act that has driven this process sets out a consultation
22 process that requires federal agencies to ensure that
23 their actions are not jeopardized, endangered and
24 threatened species.

25 In this case, the Army Corps of Engineers is

1 the federal action agency. National Marine Fisheries
2 Service is the consulting agency and Sonoma County Water
3 Agency is included in the process by the signing of the
4 MOU that Supervisor Smith mentioned.

5 Later, Mendocino County Flood Control joined
6 in and the Department of Fish and Game has also been
7 involved all the way long. We've worked very well
8 collaboratively and cooperatively for 11 years to get to
9 where we are right now. And the biological opinion is
10 final, but within it, there's plenty of room for what we
11 call adaptive management. There's a lot of things we're
12 not sure about and need to study and survey and make
13 decisions down through the process.

14 In this formal Section 7 process, the end
15 result is the biological opinion. And that document
16 analyzes the effects of the federal actions and all the
17 other related actions. And in this case, the conclusion
18 of the biological opinion is that the status quo of
19 flood control operations, water supply operations and
20 maintenance in the Russian River would indeed jeopardize
21 Central California coastal coho salmon, and Central
22 California coast steelhead, and it would also adversely
23 affect their designated critical habitat.

24 So to ensure that we are conserving the
25 ecosystem, and not jeopardizing our salmonoids, we need

1 changes in the way that the Army Corps and Sonoma County
2 Water Agency and others in the basin to conduct their
3 operations.

4 So throughout this process, the Public Policy
5 Facilitating Committee here has been a forum for public
6 input. There will be more opportunity for public input
7 later on if there's an EIR or changes in flows.

8 And I'm going to introduce now my
9 distinguished colleague, Dr. Bill Hearn, who has been
10 really instrumental in developing biological opinion,
11 and he's going to give you an overview in some detail.
12 But time constraints, we have here today, we are not
13 going to allow him to touch on much more than the
14 highlights.

15 So I recommend that for full understanding
16 that, to the extent you can, to take a look at the
17 biological opinion and review. I think it's a very
18 solid document. I'll turn it over to you, Bill.

19 DR. BILL HEARN: Thank you, sir.

20 National Marine Fisheries Service completed
21 the biological opinion for the Water Supply and Flood
22 Control Operations and Channel Maintenance by the Corps
23 Sonoma County Water Agency and the Mendocino County
24 Regional Flood Control District, and it was issued
25 September 24th, 2008.

1 It is a 380-page document. It is the longest
2 BO that our office ever did. And I'm thinking it's the
3 longest BO that our region, California Southwest region,
4 has ever generated. I'm supposed to now summarize that
5 in 15 minutes.

6 To start with, what was the purpose of this?
7 The purpose is to provide the Corps and some kind of
8 water you can see in the Mendocino County, dot, dot,
9 dot, with ESA take exemption for the project.

10 What that means, take exemption, it means
11 we're providing exemption from the prohibitions against
12 the killing and harming of listed species, for and
13 otherwise lawful project.

14 As the project operates, there can be fish
15 that can be killed. And so we go through this process
16 in order to provide take exemptions.

17 And in doing that, we need to try to minimize
18 that take, that killing and harming of fish, listed
19 fish. And in doing that, we need to do an analysis and
20 we need to ensure that the Corps' actions and the --
21 what are called interdependent and interrelated actions
22 do not jeopardize federally listed species or adversely
23 modify a designated critical habitat.

24 As an aside, this interdependent and
25 interrelated actions, basically, you think of it as

1 those things that might happen, that would only happen
2 but for that project.

3 In the case of this particular opinion, the
4 water diversions down at Mirabel and Wohler are an
5 example of interdependent and interrelated action. We
6 wouldn't be getting the water if they weren't releasing
7 the water out of the reservoirs.

8 It's a large project, and we're considering a
9 lot of things. What we looked at were the operations at
10 Warm Springs Dam and Coyote Valley Dam. Horrendously,
11 in looking at the effects of the flood control
12 operations, the hydroelectric project operations at both
13 dams and water supply releases from the dams.

14 We're also looking at the channel maintenance
15 by Sonoma Water Agency and Mendocino County Russian
16 River Flood Control District. There's channel
17 maintenance for flood protection in the Russian River
18 main stem and in Dry Creek, below Warm Springs Dam, and
19 something which Sonoma County called Zone 1A.

20 That's basically a geographic area that
21 encompasses, call it the urban Santa Rosa area. It's
22 like Rohnert Park and Santa Rosa, primarily. And so
23 there's a lot of flood, you know, flood control channels
24 and hardened channels, and we are -- we were providing
25 taking exemptions for flood maintenance activities in

1 Zone 1A.

2 Other things we're looking at were the water
3 level management of the estuary at Jenner, where fish
4 hatchery operations at the Warm Springs Dam and at the
5 Coyote Valley Dam, the Corps operates a fish facility up
6 there as well.

7 And we're also -- we're considering the water
8 diversion operations by SCWA, as I said at Mirabel and
9 Wohler.

10 What we were looking at was the effect of all
11 of these various activities on three particular
12 salmonoid species, and believe it or not, southern
13 resident, killer whales, orca, I'll tell you about that
14 in a minute.

15 We were interested in looking at the effects
16 of the project on chinook salmon which was listed as
17 threatened coho salmon which is endangered, and
18 steelhead which are also threatened.

19 We were years into the process, and only in --
20 I think in the last year, someone in, I think, our
21 regional headquarters said that we needed to look at
22 orca because there were concerns that there was some
23 populations of orca that actually feed largely on
24 chinook salmon. And these projects affecting chinook
25 salmon and orca, which was listed as endangered, was an

1 issue, so we looked at that. And actually, we kind of
2 dismissed that pretty quickly because this project does
3 not adversely affect chinook salmon, does not have
4 significant impact on chinook.

5 When we talk about the species, the coho,
6 chinook and the steelhead, we're not talking about
7 Alaskan coho, we're not talking about Sacramento River
8 fish. Our agency basically lists the species in
9 geographic units. I'm not going to get real technical
10 with you here, but this is the chinooks, Central
11 California chinook units.

12 And what I've done is, we got the Russian
13 River watershed which is in the dark, and that's part of
14 this particular unit. You can see the relative side of
15 the Russian River and its proximity and location within
16 that particular listed unit.

17 And in the case of the coho, you can see that
18 the Russian is rather large. It's -- this color here,
19 that is the area where the CCC coho are located.

20 And they basically extend right along here.
21 And you can see that the Russian River is very large
22 portion of the area of the listed coho, and it's
23 centrally located, and it's really important watershed
24 for trying to recover coho.

25 And likewise, for the Central California coast

1 steelhead, it basically is the Bay Area populations, as
2 well as the Russian River.

3 And the Russian River is, you know, the
4 northern side of the entire listed unit. So the Russian
5 is a very important watershed.

6 When we do this analysis, here's the basic
7 organizations for those that you aren't going into the
8 300 pages. We -- we first have to look at the status of
9 the species. We look at those three species and we have
10 to consider, you know, how -- how are they doing,
11 what -- what are the limiting factors for these species,
12 you now, what -- in the situation when the coho, they're
13 in really dire condition.

14 So we do an analysis of that. Then we look at
15 the environmental baseline within the action area. The
16 action area is basically the area where the project
17 literally has a physical effect or influence.

18 And in this case, we're talking about the
19 Russian River watershed. And in looking at the
20 environmental baseline, we have to consider all of the
21 things that are -- have been adversely affecting the
22 species.

23 And so in that discussion in the opinion, we
24 have to talk about gravel mining, we have to talk about
25 agriculture and water diversions and roads and all the

1 things that basically screw up the habitat for the
2 species in the population.

3 Then we look at the effects. And that's
4 literally what the project is doing to the species. And
5 so you have the status, the baseline and the effects.
6 And then once you do those three components, we have
7 what is called the integration and synthesis section.
8 And we basically look at the effects of the project, the
9 actual physical, what's the project doing, and we put it
10 in the context of the status of the species and the
11 environmental baseline.

12 And so then after we've done the integration
13 and synthesis, we come up with a conclusion. Is this or
14 is this not jeopardy? Is this or is this not adverse
15 modification of the critical habitat? And in the case
16 of this project, we found that it was jeopardy for
17 steelhead and for coho salmon.

18 And when you have a jeopardy determination
19 under Endangered Species Act, you have to figure out
20 what are we going to do about it. For that, you'll end
21 up having what is called a reasonable and prudent
22 alternative. It's -- you know, let's try to operate the
23 project this way, now, we don't have jeopardy.

24 And then once you have that reasonable and
25 prudent alternative crafted, you then add additional

1 terms and conditions to minimize taking of the species.
2 Because even with a reasonable and prudent alternative,
3 which we call an RPA, you're still going to have some
4 minor losses, and so we try to minimize that.

5 I would point out that the reasonable and
6 prudent alternative, we are, as an agency, encouraged to
7 work with the action agency and the applicant to try to
8 figure out how we could do that. And so we ended up
9 having an interesting year with David Manning and me,
10 over the past year and we worked out a reasonable and
11 prudent alternative for avoiding jeopardy to coho and
12 steelhead.

13 This is an interesting map. I apologize to
14 people who are color blind, but this is a map of the
15 southern part of the Russian River Watershed. The
16 northern part of the watershed up in here does not have
17 any coho habitat to speak of.

18 And what we have here is a map, all of these
19 heavily bolded streams, if you will, are places that
20 still have cold water habitat for coho salmon. They are
21 very finicky fish. They like water really cold. And
22 you can see that there's a fair number of places that
23 are, you know, cold, with potential cold water.
24 However, those are red, do not have coho. The coho are
25 gone. The places in the watershed where coho remain are

1 few and far between, the Green Valley, Dutchville, Sheep
2 House, the Miller Creek watershed and some tribs of the
3 Austin Creek and that's it.

4 And for the most part, those last remaining
5 coho are sustained by the hatchery program up at the
6 Corps facility at Warm Springs Dam.

7 So we have a species which is -- we refer to
8 an extinction vortex. There aren't a lot of them left.

9 And you can see that the Dry Creek, maybe I'm
10 getting ahead of myself, but the Dry Creek has a ton of
11 cold water, beautiful cold water, where the fish can
12 reproduce but it is very fast.

13 So here is a fast summary of the project
14 effects. First of all, high summer flows from Coyote
15 Valley Dam impact rearing steelhead habitat in the upper
16 mainstem Russian River. High summer flow releases from
17 Warm Springs Dam adversely affect salmonoid rearing
18 habitat in Dry Creek in 14 miles of it.

19 And high summer flow release adversely affect
20 salmonoid rearing habitat in the estuary down near
21 Jenner.

22 Management of water levels in the estuary to
23 protect flooding down the Jenner area, also, the way
24 it's being done, adversely affects salmonoid rearing in
25 the estuary. Also found that annual dam inspections up

1 at Coyote Valley Dam stop flow totally in the east
2 branch of the Russian.

3 And it's for a short time, but still you're
4 shutting off the flow, and that is not good.

5 We also found releases of turbid water from
6 Coyote Valley Dam are a concern.

7 Regarding the high summer flow releases, we
8 conducted an interagency study in 2001. We had the
9 Sonoma County Water Agency, NMFS, DFG and the Corps,
10 biologist, we went out, we did assessment of both the
11 upper Russian River, upstream of Cloverdale, and the
12 14 miles of Dry Creek below the Warm Springs Dam. And
13 we found that current velocities were really fast of the
14 way the project is currently operated. And the more
15 release you have, the worse it gets. And there wasn't a
16 lot of cover where the fish hide behind, so you're
17 really reducing the amount of habitat in these areas.

18 We found that the high summer flow releases
19 out to Lake Mendocino affects 34 miles of rearing
20 habitat and 14 miles of Dry Creek.

21 And high summer releases from the two
22 reservoirs create unnaturally high flows that come into
23 the estuary. And that high inflow basically interferes
24 with the natural processes of lagoon closer or more
25 normal dynamic of the Central California estuaries.

1 Very briefly talking about the estuaries,
2 here's a picture that basically shows Sonoma County
3 water agency staff doing out of the extraordinary and
4 basically go right out to the beach, and they cut a big
5 hole in it. And ultimately, with the marine action, it
6 basically washes open and it just creates an open
7 estuary. Eventually, the ocean and river just widen
8 that whole gap and that reduces the lagoon depths. It
9 increases the salinity, it reduces it to somewhat
10 complex dynamics.

11 And I'm gonna go into the best dissolved
12 oxygen concentrations in the estuary. And fresh water
13 lagoon formation is a common and normal thing, and
14 they're normally very productive. Estuaries are usually
15 these lagoons that would normally form are very valuable
16 rearing habitat for salmonoids, and the way it's being
17 operated, we believe is not good for production for lots
18 of steelhead.

19 Here's the bottom line for the conclusions.
20 First of all, status quo operations significantly impact
21 the abundance of coho and steelhead. Status quo
22 operations affect the population growth rates of coho
23 and steelhead and affects the ecological diversity of
24 those species.

25 And based on that, status quo operations

1 jeopardize cohos and the steelhead and adversely
2 modifies their critical habitat. We did find that the
3 status quo operations do not jeopardize chinook salmon
4 or adversely modify their critical habitat. Don't have
5 time to tell you why.

6 Now, what is the RPA that we worked out?

7 First of all, we call for reducing flows in
8 main stem Russian River from about May through October.
9 And that would benefit salmonid production in the
10 estuary and 34 miles of the upper Russian River.

11 We couldn't exactly reduce flows in Dry Creek
12 easily because it would shut off much of the water
13 supply to Santa Rosa, Rohnert Park, Sonoma, Novato, and
14 I think that would be a hard sell.

15 And so in order to deal with that, we call for
16 a rather significant habitat enhancement of pool riffle
17 habitat in 6 miles of Dry Creek plus the other areas
18 beyond that 6 miles of Dry Creek, the installation of 20
19 large boulder clusters, which help reduce the velocity,
20 which provides habitat for steelhead and coho.

21 The RPA also calls for adaptive management of
22 the estuary breaching, and I'll talk about that later
23 when Pam here goes through some of the specifics of the
24 BO. And it also calls for strengthening the captive
25 coho brood stock program up the Warm Springs hatchery.

1 It also calls for a feasibility study of
2 building a Dry Creek bypass pipeline, but it doesn't say
3 permitted or building, but it's kind of a back up plan
4 if the -- if the habitat restoration project were to
5 fail. I know it won't, but it's a back up. We have
6 that.

7 And we have the installation of a back up
8 water supply and pipeline to the Warm Spring Dam fish
9 hatchery, and monitoring of fisheries, water quality,
10 and aquatic invertebrates, and monitor occurring in the
11 main stem Russian, the estuary and in Dry Creek.

12 This is my last slide.

13 So I showed you the RPA. The additional terms
14 and conditions are to design and install minimum bypass
15 through a pipeline in Coyote Valley Dam. And that would
16 be for a 25 CFS flow. So that when they do the dam
17 inspections every year, you don't shut the flow off in
18 each branch.

19 Another term and condition is to study and
20 implement dam release ramping rates that minimize the
21 fisheries while ensuring flood protection. We also want
22 the Corps to study the turbidity issues at the dam, so
23 it's kind of a complicated issue. Don't have time to
24 tell you about it. But we want them to develop and
25 implement a plan to implement -- to minimize the

1 turbidity impacts to salmonoids, and we also want to see
2 new fisheries at Mirabel water intake in -- I think it's
3 like five years. It's not next year.

4 And lastly, we would like the Corps to improve
5 genetics management of the hatchery steelhead program.

6 And so that is the BO in a nutshell.

7 CHAIRMAN TIM SMITH: Dr. Hearn, thank you very
8 much. I appreciate that.

9 Next on, Pam Jeane from the water agency will
10 provide a brief overview of the current flows and the
11 summary of the changes and flows of the BO, and she will
12 be followed by Jessica Martini-Lamb, and David Manning
13 of the Water Agency will discuss NEPA and CEQA
14 processing changes proposed for Dry Creek. Bob Coey,
15 from the Department of Fish and Game, will discuss
16 projects in Dry Creek tributaries, and Bill Hearn will
17 come back and discuss estuary management.

18 So with no further adieu, Pam, take it away.

19 PAM JEANE: Thank you. So I'm gonna kind of
20 back up here and put some of this in context of the
21 Russian River and the way we operate the river today, in
22 the summertime specifically.

23 And just so you know, there's a little logo up
24 here on this side, RRIFR. And we, as a result of the
25 biological opinion are going to be starting a process to

1 look at in stream and restoration direction of the
2 RRIFR, stands for Russian River Instream Flow and
3 Restoration.

4 And we will be heading into environmental
5 review process, and that this is the name of the project
6 for that process. Jessica will describe that process to
7 you when I'm done speaking.

8 So the Russian River water system has three
9 main reservoirs that provide summer flow into the
10 Russian River. The first reservoir is actually not in
11 the Russian River watershed. It's in the Eel River
12 watershed. It's lake called Lake Pillsbury. It's owned
13 and operated by Pacific Gas & Electric. PG&E releases
14 the water out of Lake Pillsbury dam, Eel River, and at
15 Cape Horn Dam, and it's diverted through a tunnel into
16 the Potter Valley.

17 In the Potter Valley, that water is used to
18 create hydroelectric power, as well as provide water to
19 farmers that farm land in that valley. The remainder of
20 the water that's not used by the farmers does go down
21 the east fork of the Russian River to Lake Mendocino.

22 Lake Mendocino is one of the two Corps of
23 Engineers projects on the Russian River that Sonoma
24 County Water Agency is the local sponsor for.

25 These, both Lake Mendocino and Lake Sonoma,

1 were constructed for three purposes, recreation, but
2 most importantly, flood control on the Corps side, and
3 water supply on the Sonoma County Water Agency side.
4 Water is released out of Lake Mendocino, flows down the
5 Russian River, and meets the water that's released out
6 of Lake Sonoma and flows down Dry Creek, just south of
7 the town of Healdsburg and just downstream of
8 Healdsburg.

9 And the Sonoma County Water Agency's water
10 diversion facility, as shown at the bottom of this
11 slide, a little green star down there, that actually
12 will not get highlighted. I apologize.

13 One of the requirements of our water rights
14 except that Sonoma County Water Agency's water rights is
15 that we maintain instream flows in summertimes, and
16 three breaches of stream. Two of those breaches are on
17 the Russian River. The first breach is sending from
18 Lake Mendocino down to the confluence of Dry Creek.

19 The second breach that we maintain flow on is
20 the lower part of the river, between Hacienda or between
21 the confluence of Dry Creek out to the mouth of the
22 Russian River at the ocean. And I'm skipping these on
23 purpose, so I'll get back on that.

24 And the last breach that we have to meet a
25 minimum flow requirements is on this breach downstream

1 of Lake Sonoma and Dry Creek. I'm skipping over these
2 numbers here because they're a little bit too much
3 detail for us here. I'm going to go over them again in
4 a second.

5 One of the requirements of the biological
6 opinion requires the water agency of Sonoma County Water
7 Agency to obtain both permanent changes to instream flow
8 requirements as well as interim changes to instream flow
9 requirements from State Water Resources Control Board.

10 Those changes are spelled out in the
11 biological opinion, and I'll give you sort of a synopsis
12 of those here. When you came in the door earlier
13 tonight or this afternoon, there is a handout out there.
14 That top of the handout is titled "Russian River Water
15 System." It's sort of blue green 8-1/2-by-11 handout,
16 and it has this information on it with regards to
17 instream flow requirements, what they are today versus
18 what's being required in the biological opinion.

19 I'm going to run through those really quickly.
20 And if you have questions about those, you're welcome to
21 ask me afterwards, or I can give you a business card if
22 you want to call me later. But the first section where
23 the biological opinions requiring permanent changes
24 inflows is the Russian River from Lake Mendocino
25 essentially down to the mouth of Dry Creek where Dry

1 Creek comes into the river.

2 And decision 1610 flows between June and
3 October of any given year range of 150 cubic feet per
4 second to 185 cubic feet per second. Biological opinion
5 is requiring a permanent change, a reduction down to
6 125 cubic feet per second.

7 Lower reach of the river between the Dry Creek
8 confluence and Pacific Ocean, normal and dry year
9 instream flow requirements currently are 85CFS in a dry
10 year and 125 in a normal year. Biological opinion in a
11 normal year is looking for 70 cubic feet per second, but
12 also recognizes water agency operates with some buffer.

13 And so it would be approximately 85 cubic feet
14 per second would be expected to be seen at our lowest
15 gauge where we do monitoring, which is at Hacienda. The
16 biological opinion also requires that the same dry flow
17 that you would see today.

18 The last breach of the river that a permit
19 change is being requested or required is on Dry Creek
20 from Warm Springs Dam down to the Russian River.

21 Those flow requirements range from about 75 to
22 105 CFS currently in a normal year. And biological
23 opinion is looking for a minimum instream flow
24 requirement from May through October of 40 cubic feet
25 per second. And I want to make sure that I make it

1 clear that this 40 cubic feet per second, which is a
2 pretty big change from what we use today, will only be
3 required if the structure changes that we make to the
4 creek that Dave will describe to you are not successful.

5 Interim changes that are being required in the
6 BO are only on the Russian River. There is no interim
7 change required in Dry Creek. The first one is, again,
8 in the upper Russian River, between the east fork and
9 Dry Creek confluence. Again, the range today is 150 to
10 185 cubic feet per second between June and October. The
11 biological opinion is requiring a reduction down to 125
12 CFS.

13 And the last change is in the Lower River,
14 between Dry Creek all the way out to the mouth of the
15 river. In the normal year, we see 125 cubic feet per
16 second is our minimum now. And we are looking again in
17 the biological opinion for interim change of about down
18 to 70 cubic feet per second.

19 The process for amending this decision 1610
20 and changing our instream flow requirements with the
21 State Water Resources Control Board will include a
22 public outreach component, preparation of the EIR and
23 certification of the -- I'm sorry, environmental impact
24 report and certifications of documents as well as state
25 board decision process.

1 And Jessica will talk about that, the
2 preparation of the environmental impact report, impact
3 statement. And I'm done.

4 JESSICA MARTINI-LAMB: The permanent interim
5 changes to decision 1610 are going to require --

6 (Reporter interruption.)

7 JESSICA MARTINI-LAMB: The permanent interim
8 changes to decision 1610 will require compliance with
9 the California Environmental Quality Act and National
10 Environmental Policy Act. And State Water Resources
11 Control Board will require a CEQA document in order to
12 consider interim changes to decision 1610. And agencies
13 currently evaluating the type of environmental document
14 that will be needed.

15 The biological opinion is going to require the
16 agency to petition for interim flow changes to decision
17 1610, and to be implementing those interim flow changes
18 by 2010.

19 So to respond to the requirements for
20 permanent changes to decision 1610, the agency is going
21 to have to prepare a joint environmental impact report
22 and impact statement that will address a minimum
23 instream flow changes in the Russian River and Dry
24 Creek, long term habitat restoration projects in Dry
25 Creek, a potential Dry Creek bypass pipeline and changes

1 in estuary management.

2 EIR, EIS will also look at alternatives to
3 those projects that are requiring the biological
4 opinion. And in fact, the biological opinion states
5 that during CEQA and NEPA process, alternatives to
6 projects that are identified in BO may be identified,
7 and those projects may also be able to meet the goals of
8 restoring some habitat in the Russian River and Dry
9 Creek.

10 So the EIR, Environmental Impact Report, the
11 impact statement will evaluate the effects of the
12 proposed projects on recreation, socio-economic and
13 biological resources, water quality, cultural resources
14 and hydroelectric facility operations at Coyote Valley
15 Dam and Warm Springs Dam.

16 Other studies may be needed as issues are
17 identified during the public scoping process of the EIR,
18 EIS, and they may require additional studies.

19 So there's multiple opportunities for the
20 public to participate in the environmental impact report
21 and impact statement process. The water agency will
22 issue a notice of preparation and notice of intent to
23 prepare these environmental documents to the responsible
24 agencies in the public.

25 After that, there will be a public review

1 period and scoping process, where we will hold scoping
2 meetings with the public to help identify alternatives,
3 and that will be evaluating the environmental document,
4 and also to identify issues that needed to be addressed
5 in the environmental documents.

6 We'll use that information from scoping
7 process to prepare a draft EIR, EIS. And once that
8 document's final, we'll file a notice of completion and
9 issue a notice of availability, which will be followed
10 by a longer public review period, and will hold public
11 hearings to take comment on the draft environmental
12 documents.

13 The agency will then use those comments to
14 prepare responses to comments, and then a final
15 environmental impact document.

16 We'll take that final environmental impact
17 document to our board of directors for their
18 consideration and approval. And at that meeting, the
19 board will take public comments on whether or not to
20 certify the document as final. If they decide to
21 certify it, there will be finding on the feasibility of
22 reducing or avoiding any significant environmental
23 impacts that are identified in the document.

24 And at which time, there will be a second
25 meeting by the board of directors where they will make a

1 decision of what we call project approval. And if the
2 project is approved, then we'll file a notice of
3 determination and record of decision, and that will
4 conclude the environmental process.

5 So biological opinion actually requires the
6 water agency to demonstrate progress in obtaining
7 changes to decision 1610 both for interim changes and
8 permanent changes.

9 So permanent changes, the water agency is
10 required to file a petition to change the decision 1610
11 with State Water Resources Control Board within one year
12 of issuance of the biological opinion.

13 And in 2009, 2010, we anticipate that will be
14 issuing a notice of preparation and notice of intent.
15 The biological opinion requires us to file that document
16 within six months of the state board issuing a public
17 notice of their acceptance of the petitioner to change
18 decision 1610.

19 And the biological opinion requires the Water
20 Agency Board to certify as final environment impact
21 report and impact statement within four years of filing
22 that original petition to change decision 1610 with the
23 State Water Resources Control Board.

24 So in the meantime, we'll also be looking at
25 implementing interim changes. So the next couple of

1 years, the water agency will be preparing CEQA
2 compliance document and a petition for changing decision
3 1610 on the interim basis.

4 The biological opinion requires the agency to
5 begin implementing interim changes to decision 1610 by
6 2010, and implementing those changes every year until
7 the permanent change is approved by the state board.

8 And that concludes my presentation. Bob Coey?

9 DAVID MANNING: I'm actually -- I can just
10 grab the microphone.

11 Hopefully, the volume is okay.

12 I tend to -- I'll try not to shout here.

13 So Bill has given us a bit of background about
14 Dry Creek as has Pam, but just in case you didn't retain
15 all that information, 14 miles long, run, of course,
16 Lake Sonoma to the mouth of the river, our flow rate
17 typically in our current operations, in the summertime
18 is between 90 and 130 cubic feet per second. U.S. Army
19 Corps takes over flood control releases during the
20 wintertime, and those releases are typically in the
21 1,000 to 6,000 cubic feet per second range.

22 Dry Creek is a bit unique in the Russian River
23 watershed --

24 (Reporter interruption.)

25 DAVID MANNING: It's also known to Warm

1 Springs hatchery at the base of Lake Sonoma, which is
2 also where the coho recovery program is housed.

3 So what are the habitat conditions on Dry
4 Creek. As Bill alluded to in 2001, we conducted the
5 multi-agency flow and habitat study, looked at three
6 different flow rates on Dry Creek, 47, 90 and 130 cubic
7 feet per second.

8 We found that while the water quality was
9 excellent, this water is extremely cold, 12-degree C.

10 LT. COL. LAURENCE FARRELL: Excuse me.

11 Just for a point of clarification, 1 cubic
12 feet per second is about 7 1/2 gallons per second. So
13 when you see a number of 100 cubic feet per second, it's
14 under 800 gallons per second. Just so they understand
15 it.

16 DAVID MANNING: Sure.

17 LT. COL. LAURENCE FARRELL: So 110 cubic --
18 thousand gallon per second or 60,000 gallons per minute.
19 That puts the numbers in perspective. So, again, I just
20 want everything -- it's good for us that we know it, but
21 unless you're an engineer, that's --

22 DAVID MANNING: Absolutely. It will take
23 quite a while to interpret this document. To all of you
24 here, we're using some technical terminology, and we'll
25 make ourselves available to clarify any of this points.

1 LT. COL. LAURENCE FARRELL: Just to convert
2 cubic feet per second, you multiply by eight to convert.
3 Make that aware to everyone. Thank you.

4 DAVID MANNING: So as Bill also mentioned, the
5 really high water velocities in Dry Creek equate to poor
6 habitat quality for rearing juvenile coho and steelhead.

7 This is the picture from that survey at a 130
8 cubic feet per second and that rather fast water in
9 uniform looking habitat is what you'll find in the vast
10 majority of Dry Creek. Our operations, both the Sonoma
11 County Water Agency's and the Army Corps' operations
12 have simplified this habitat.

13 We say at last structural complexity and
14 that's woody debris, boulders, elements that break up
15 the flow. Fish really need diverse habitat conditions,
16 generally slower water velocity to optimize their growth
17 and survival.

18 So what are some of the options to improve
19 critical habitat in Dry Creek. As Bill mentioned, we
20 can dramatically reduce flows from Warm Springs Dam, but
21 of course that really affects water supply for 600,000
22 people. That also provide a lot of destruction to
23 habitat the fish desperately need. We can bypass the
24 flow in a pipeline around Dry Creek. That has a very
25 high cost. It takes a very long time to complete a

1 project of that magnitude.

2 We could also -- and this is a sort of a
3 preferred course, modify the stream channels to
4 accommodate current water supplies and enhance the
5 habitat. This is something to be implemented much more
6 quickly and has multiple benefits to water supply both
7 summer and winter habitat enhancement and stream bank
8 protection.

9 So the biological opinion mandates a 12-year
10 plan to restore habitat in Dry Creek, and monitor the
11 results of the projects. It's multi-phased projects,
12 multi-goals, the same graphic, which I'm going to step
13 through, is also in the hall. I'll describe the
14 components, you don't have to squint to read the very
15 fine print.

16 Those goals are the completion of tributary
17 enhancement projects, and Bob could describe those in
18 just a minute. Completion of total 6 miles of
19 restoration on the main stem of Dry Creek, at a variety
20 the sites in the upper middle and lower portions of Dry
21 Creek, treating a habitat across 14 miles of Dry Creek.
22 Both summer and winter habitat improvements is a measure
23 to protect bank stability, and also to preserve flow in
24 our current water supply regime.

25 So stepping through this plan, by year three

1 of implementation of biological opinion in 2011, we'll
2 have completed extensive restoration planning study in
3 Dry Creek. Simultaneously, a feasibility study for
4 pipeline alternative should be needed. Extensive
5 biological monitoring, increased production from the
6 coho brood stock program, putting small -- into Dry
7 Creek. Bob will talk about that as well.

8 Five tributary enhancement projects, they
9 really involve fish passage, and some small habitat
10 improvement measures on those tributaries.

11 (Reporter interruption.)

12 By the sixth year -- of biological 2014 we'll
13 have secured land owner agreements to allow us to
14 construct a mile of main stem habitat restoration,
15 again, at multiple sites in these projects.

16 And I'll show you some examples of them in
17 just a moment -- to pools, back water areas, low
18 velocity habitats. And some of these boulder clusters
19 that Bill mentioned -- while performing bank
20 stabilization and protection activity is what you see in
21 the photograph below. And, of course, extensive
22 monitoring which really extends through every phase of
23 this process.

24 In the 9th year, we'll complete an additional
25 two years of habitat restorations to main stem of Dry

1 Creek. So at that point, we'll have restored little
2 amounts of habitat. Again, a variety of sites,
3 extensive monitoring.

4 Year 10 is a pivotal time frame in this
5 12-year plan. So in 2018, we're going to step back and
6 ask ourselves, "Are 3 miles of this habitat restoration
7 really meeting the objectives?"

8 And those objectives again are the creation of
9 low velocity of habitat. Are they performing as
10 anticipated and improving the fish population? If the
11 answer to that question is yes, the water agency will
12 proceed to restore additional 3 miles of habitat by 2020
13 to get us to a total of 6 miles. If the answer is no,
14 we may pursue a pipeline alternative, use the feasible
15 study that was completed in the first three years of the
16 project.

17 So what defines restoration success? NMFS,
18 department of fish and game and water agency will all
19 enter into an adaptive master plan. And you'll notice
20 when you read this document a discussion about meet and
21 confer about the restoration planning. The water agency
22 will have to meet specific physical habitat criteria
23 that have been recognized to provide beneficial habitat
24 to coho and steelhead.

25 You'll see that described in the document as

1 well. And we also have to show a measurable response in
2 the fish population. And exactly the form of that
3 response is something that we'll have to determine in
4 consultation with Fish and Game and NMFS, but it could
5 be increases in abundance, growth rate survival.

6 So what are these projects? How will we
7 accomplish this? NMFS and water agency have selected
8 first rate consulting firm with an international
9 reputation in doing these natural channel enhancements.

10 That company is Inter-Fluve in Oregon. They
11 constructed five international channel enhancement
12 projects since 1983 --

13 (Reporter interruption.)

14 Natural enhancement projects. That means
15 really taking the stream and having it perform for fish
16 in a way that it didn't previously.

17 So in Kelley Creek, Oregon, they're able to
18 take a stream and add habitat elements to it that the
19 fish have been shown to really grow well and survive in
20 when they're placed in stream. This is a picture of the
21 stream where stream banks were treated to protect them
22 using by remediation techniques. There's also some
23 large wood anchored and a part of this channel. This is
24 an example of what might be a very small project as part
25 of this large 12-year plan.

1 On the other side of the spectrum, Inter-Fluve
2 constructed a 4,400 foot long side channel in Clackamas
3 River, Oregon. This extensive project involved the
4 engineering of 450 log structures in an incredibly
5 complex channel that provides just the structural
6 complexity these fish need at a variety of flows.

7 What you see here is the side channel at a
8 lower flow, all of the log structures are elevated up so
9 that when the water floods this site in the wintertime,
10 the fish can find refuge from those high velocities
11 behind some of those log structures.

12 So how do we know this working? We've got
13 long term monitoring immediately post construction,
14 that's that first slide. That is certainly not what the
15 project looks like when it's finally constructed. We'll
16 measure fish production in various reaches of Dry Creek
17 by trapping fish as they emigrate through the stream,
18 move down stream, towards the ocean after they finish
19 their growth period in fresh water. We'll look at the
20 habitats in a lot of detail the areas that were improved
21 or enhanced and areas that were not.

22 That's actually the electro fishing operations
23 that Fish and Game -- way of sampling stream looking for
24 juvenile fish that was conducted last week as part of
25 the pilot study. And we'll also be looking at the

1 growth and survival of the fish in a very direct way.

2 So as Pam mentioned, this Russian River
3 instream flow restoration project is really all about
4 multi-agency collaboration, where all the agencies
5 assist in the planning. We see local, state and federal
6 funding to construct and monitor these projects. But
7 the really critical link here, especially for the
8 restoration, is private landowner cooperation.

9 We see this entire effort moving forward
10 really as a collaboration between the agencies and
11 private landowners in Dry Creek to accomplish these
12 critical restorations.

13 I'll just leave you with a picture of what
14 we're trying to enhance, an adult coho salmon and adult
15 steelhead, and that we'll find out about we're gonna do
16 some of the tributaries, Bob Coey, Fish and Game.

17 BOB COEY: Bob Coey, senior fisheries
18 biologist, Bay Delta region. Like Bill discussed, the
19 effects of the project had to be analyzed in view of the
20 California Endangered Species Act. And the Department
21 of Fish and Game has been involved in this biological
22 opinion all along, and we support the RPAs that have
23 been developed for chinook salmon and steelhead. But we
24 specifically had to evaluate the effects on coho salmon
25 for the operations and to help recommend mitigations for

1 the water agencies operations and their effects on coho.

2 I'm going to be discussing three mitigations,
3 tributary enhancement, smooth release and some
4 monitoring.

5 Briefly kind of give you status of coho in the
6 Russian for this a little bit. These 28 historic
7 streams in Russian River watershed are those colored
8 ones down below in Sonoma County.

9 Fish and Game surveys have found consistent
10 presence in only three of those tributaries, Green
11 Valley Creek, Dutchville and Dry Creek. With Green
12 Valley Creek being the only streams that has naturally
13 supported three consecutive year classes of the fish.

14 These projects were selected based on habitat
15 surveys that Fish and Game and NOAA has conducted. And
16 they've been documented in our recovery plans, both in
17 Fish and Game's and NOAA's, I believe which has just
18 been released.

19 The tributary projects, we recommended 10
20 projects for the water agency to consider, five of which
21 must be implemented by year five of the project. All of
22 them are in coho-bearing streams, 7 of the 10 are in the
23 Dry Creek watershed.

24 All of these projects have been developed to
25 benefit summer and winter survival of juvenile coho,

1 which has been the life stage that has been identified
2 as having take under CESA.

3 All of the projects have and will involve pre
4 and post consultation by NOAA Fisheries and Fish and
5 Game, and the success of these project, as Dave
6 indicated, will be monitored by the water agency staff
7 and evaluated by a Fish and Game and NOAA.

8 The objective of these specific projects is to
9 provide excellent coho habitat and rearing on conditions
10 in the tributaries of Dry Creek during the first stages
11 of the project's infancy.

12 As Dave discussed there's a lot of things
13 coming down the line up to 20 years long. Under CESA,
14 we require that there be immediate mitigations to coho
15 to avoid jeopardy the species.

16 I don't have a time to go into the details of
17 all these projects, but you can see that there are fish
18 passage projects in Crane Creek, Wallace Creek and
19 Miller Creek proposed. And in Dry Creek basin as well
20 as Purrington, Willow Creek and Redwood Creek, which are
21 tributaries to the Myacman drainage.

22 And then there are a number of instream
23 projects sprinkled throughout the Dry Creek basin. Each
24 one of these projects is thousands of feet in nature,
25 sometimes miles, and specifically in the case of the

1 fish passage projects.

2 Types of projects that are specifically -- I'm
3 not sure which this one is coming out, but erosion
4 control, instream habitat improvements and barrier
5 modifications. This is one of the projects that is
6 proposed. It's a county culvert on Wallace Creek, and
7 it's been identified through a survey as needing
8 modification in the form of baffles to improve fish
9 passage.

10 Crane Creek conditions there have been
11 simplified, as Dave identified, through a farming and
12 urban development and through the head cutting that has
13 occurred in Dry Creek as a result of the historic gravel
14 mining.

15 And so here, instream improvements and fish
16 passage improvements are being planned. The idea there
17 being that we deepen the channel and provide cover for
18 juvenile salmon to make it through the summer.

19 Grape Creek, tributary to Dry Creek, the
20 department has been working in this stream for quite a
21 long time doing a lot of instream improvements and
22 repairing improvements.

23 But there is a still a barrier in this system
24 to a partial stage of the life stage of salmon. And
25 this is a county culvert on West Dry Creek Road, and the

1 water agency is looking at baffling this culvert as well
2 to improve passage.

3 Wine Creek, another tributary, has been over
4 simplified through different activities, and also has a
5 quite bit of a bank erosion occurring. So in Wine
6 Creek, we're looking at doing bio-engineering repairing
7 zone improvements as well as habitat restorations in the
8 channel.

9 As Dave indicated, all of these projects have
10 the required physical monitoring component based on peer
11 reviewed protocols.

12 We'll see that they're constructed correctly
13 and we'll -- the high flows. As well as a biological
14 project monitoring component, both on Dry Creek and in
15 the tributaries to validate that there's a fish response
16 from the activity. Okay.

17 Another project is the Russian River brood
18 stock program, and I'll just give you a little bit of a
19 background here, so can you know what the context is.

20 Essentially, this project has been going on
21 since 2001. Juvenile coho are captured from Russian
22 River tributaries. They are reared to maturity and
23 spawned at the Warm Springs hatchery. And then their
24 offspring are released into historic barren coho
25 streams. The fish are not released into the Russian

1 River. They're actually released into streams and
2 return to the streams, not to the hatchery. This is a
3 wild fish program.

4 This essentially describes the component of
5 the life cycle that we're trying to address. We're
6 supplementing the wild population here with juvenile
7 fish so that they return back to adults, go to see and
8 start to cycle over.

9 These fish are backpacked into remote areas of
10 the Russian River basin and released into historic
11 streams.

12 And this is the size of the fish that we've
13 been releasing. These are presmolt essentially fried
14 because we are releasing these fish early in the life
15 stage. They're not domesticated, like normal hatchery
16 fish can be depending on conditions.

17 And they're also the genetically correct fish
18 for the Russian River basin that we've been working with
19 NOAA fisheries, utilized a genetic matrix and have
20 looked at the lineage of fish on this river over the
21 past -- essentially about eight years.

22 These are the kinds of numbers for the fish
23 we've been releasing since 2001. It's considerably
24 increased to where we released close to 90,000 fish this
25 year. But the change that is coming is that up to this

1 time, we've been releasing pre-smolts into the
2 tributaries, and with the water agency will be funding
3 for the next 10 years is the release of 10,000 smolts
4 each year into the Dry Creek.

5 The reason this is significant is that we have
6 very few fish, these are the streams that we've been
7 planting, and we have very few fish, native fish and
8 program fish in these streams.

9 Essentially, the brood stock program is
10 continuing, but as we go down the road and the coho
11 population continue to decline, we are essentially
12 beginning to mine our own brood stock. What the water
13 agency's action will do will make a run of fish coming
14 up Dry Creek that will return to the hatchery, and this
15 will reduce our reliance on the captive population.

16 Since 2001, we've been monitoring these fishes
17 to see how this pilot program has been going. Until
18 now, the department has been funding this monitoring
19 through our restoration grants program. And in the
20 future, the Army Corps of Engineers will be funding this
21 monitoring, which includes late summer abundance to
22 verify that the fish that we release are actually
23 surviving, and they are.

24 Smolt abundance estimates to verify that the
25 fish are going to sea, so they're surviving both summer

1 and the winter. And then we've just begun adult
2 trapping on the tributaries to verify that we're getting
3 actually returning adults from the ocean. We're just
4 now at the phase of where we've been releasing a large
5 enough numbers of fish and we're getting the return of
6 fish based on material returns to actually see adults
7 start to return.

8 I just want to say this has been a
9 collaborative partnership with many involved and the
10 department feels that that there is very many good
11 actions in the BO to not only mitigate the effects of
12 operations but to assist in the recovery of coho.

13 DR. BILL HEARN: This is the last of our
14 little technical presentations. This concerns the
15 estuary.

16 The estuary management is a complicated matter
17 and we are going to need to adaptively manage the
18 estuary for the enhancement of salmonid rearing habitat.

19 This is a similar to a picture I showed you a
20 while ago. Basically, what happens is the ocean process
21 has picked up a sand bar across the mouth of the Russian
22 River, and it closes off the flow. And the inflow from
23 the Russian River basically builds up the water level.
24 Water level starts to rise at Jenner. And after a
25 point, it threatens flooding.

1 And so the Sonoma County Water Agency goes
2 down and they breach it. And the way the breached it
3 is, they basically take the shortest distance between
4 two points and they cut a slot in the sand bar, and then
5 the ocean rushes in and becomes a marine system.

6 And what normally would be a fresh water
7 lagoon becomes tidal, highly saline and shallow, and not
8 particularly good for the survival of small steelhead.

9 Now, there are some steelhead that are -- you
10 know, if they're up to about, say, 5, 6 inches long and
11 they make it to the estuary, they can grow very well.
12 So there is this what we call a half pounder
13 football-sized steelhead that do utilize the estuary.
14 But what we want is a more productive estuary with lots
15 of juvenile salmonoids rearing there.

16 When the lagoon closes again, and there's salt
17 water in there, what happens is the salt water is --
18 it's more dense than fresh. It sticks on the bottom, it
19 heats up, and that solid water becomes anoxic. And so
20 you end up low dissolved oxygen and you have a dead zone
21 in effect in the deeper pools of the estuary.

22 And that's not good. Here's a picture of one
23 that, one of the notchings. And they basically find the
24 closest point and they just hack a slot, and then create
25 that estuary.

1 Here's an interesting photo of the estuary
2 before it has been notched. And what we have been
3 thinking, and I may be getting ahead of myself, is that
4 you could extend that channel along here, make a longer,
5 lower-sloped channel. You would not necessarily get
6 immediate breakage by the ocean into the estuary. And
7 you would get a what we call a perched lagoon where you
8 maintain some depth in the estuary, and it would
9 maintain a fresh water habitat that would be highly
10 productive for rearing juvenile fish.

11 So the objective for this adoptive management
12 is to manage the estuary as a closed system. And there
13 are basically two options. One is you could have it
14 entirely closed, and entirely flows the inflow that's
15 coming into the estuary, would basically percolate
16 through the sand. And you'd have a sand bar right
17 across the mouth, and you'd have inflow equals outflow,
18 and you'd have an entirely fresh water lagoon, or you
19 could have a perched lagoon. That is where you have the
20 flow essentially spilling over the sand barrier at the
21 mouth.

22 Our objective is to maintain depths of 3- to
23 8 feet. We'd like to try to get about 3- to 8-foot
24 depth in the estuary between May and October 15th. And
25 again, that's adaptive management. The deeper the

1 better, meaning, it would be nice if we get 8-foot, but
2 then again, see what we can do. I'd be happy with 3- or
3 4 feet depths.

4 And the reason it says on October 15th is that
5 we do not want to have a closed lagoon that runs
6 straight into December, which I think we would be
7 adversely affecting the chinook salmon population which
8 is running rather strongly during the months of October
9 and November.

10 The biological opinion calls for a three
11 stages of activity in which we start by trying to manage
12 the breaching by -- by the way that we breach the sand
13 bar at the mouth. We try to create that, elongate wider
14 channel with the reduced slope and to try to cut it to
15 the north that would give you a longer stretch of beach
16 where you could provide that outlet channel.

17 If we are not successful, I hope we are, and I
18 think we will be based on what I saw out in the estuary
19 this about three weeks ago -- the water level actually
20 was, but the stream was actually running right around on
21 that sand beach that I showed you three slides ago. I
22 think we'll be successful. But if not, there is a jetty
23 that is sitting at the mouth of the Russian River. And
24 it's been there for -- I don't know how long but long
25 time, about 50 plus years. And it is -- we want to look

1 at modifying that jetty.

2 That jetty is a -- it affects the percolation
3 rate of the water through the sand. It's a large
4 blockage to that percolation. And so we may want to
5 remove the jetty. We may want to perforate it. We may
6 want to attach a pipe to it. But somehow, we look at
7 that jetty and try to deal with it.

8 And so there's a study plan that first needs
9 to be prepared for that, and then we'll go forward with
10 the implementation of dealing with a jetty. And if the
11 jetty doesn't work, then we have other options. And
12 that's what you might call if nothing else works where
13 thinking that possibly we could elevate some structures
14 in the vicinity of Jenner, we're looking for other
15 solutions. I mean, we're -- this is -- we're open to
16 suggestions.

17 And the local input is definitely welcome on
18 this. There is a community meeting on Wednesday,
19 November 19th, I understand, down at the Jenner
20 Community Hall. I would be there, and we will talking
21 more details about the adaptive management of the
22 estuary.

23 CHAIRMAN TIM SMITH: Thank you very much,
24 Dr. Hearn. I appreciate that.

25 Next, Anne Crealock and Ann DuBay with the

1 water agency, will discuss opportunities for public
2 participation in the remainder of this process.

3 ANNE CREALOCK: Even though the biological
4 opinion is a final document, there's still a lot of
5 decisions to be made as we move forward in implementing
6 it. So there's so plenty of opportunities for public
7 participation. That's what I'm going to talk about.

8 We've set up three different avenues for
9 public participations both to distribute information to
10 the public and receive input back.

11 First, as Jessica -- as Jessica Martini-Lamb
12 has already described, our environmental review classes
13 will have several opportunities to comment.

14 And second, we'll host several community
15 meetings in the coming weeks throughout the watershed,
16 and Ann DuBay will tell you a little more about that in
17 a moment.

18 And third, we're conducting what we're calling
19 issues assessment, and that's what I'm going to be
20 focusing on for the next few minutes.

21 The purpose of this assessment is two fold.
22 First, it's to talk with individuals and organizations
23 and who might be affected during the implementation of
24 the biological opinion.

25 Second, it's going to tell us how to create a

1 good public process for discussion and input. And to
2 conduct this issues assessment, we've hired the Center
3 for Collaborative Policy, which is based out of CSU
4 Sacramento. And they specialize in working with
5 government agencies, stakeholders and public on
6 collaborative processes that deal with really tough
7 issues such as what we're dealing with.

8 And they might sound familiar to some of you
9 because the Center recently worked with stakeholders in
10 the Sonoma Valley on the Sonoma Valley ground water
11 management plan.

12 The assessment will include confidential
13 interviews by two impartial mediators from the center to
14 assess key issues and determine how local communities
15 would like to address those issues.

16 So those two mediators are here this evening,
17 and I'd like to introduce them to you. The names are
18 Gina Bartlett and Ariel Ambruster. If you'll stand up
19 so people know who you are.

20 The center is going to make sure to talk with
21 people throughout the region who have a variety of
22 interests including those listed on the screen here.
23 And in fact, it's very likely that many of you this
24 evening will be contacted in one way or another.

25 Once the interviews are complete, Gina and

1 Ariel will analyze the results in light of a variety of
2 factors, such as those listed on this slide.

3 And the outcome of the assessment will be a
4 report that summarizes the results of their interviews
5 and recommends options for public involvement. As I
6 mentioned earlier, the interviews will be confidential.

7 But the information shared in those interviews
8 will be included in the report without attributing that
9 information to its author.

10 As far as time line goes, Gina and Ariel are
11 ready to start contacting people this week and will
12 continue to conduct interviews through November.

13 We're expecting their results and their
14 recommendations by December or January.

15 So if you'd like to receive updates about
16 public involvement, be sure to sign in this evening, and
17 please include your contact information, especially
18 e-mail and phone numbers, as those are very useful.

19 If you'd like to find out more about the
20 Center for Collaborative Policy, check out their
21 website, it's up here on the screen.

22 And we have a website -- we have a website
23 dedicated to the Russian River instream flow and habitat
24 restoration project at sonomacountywater.org. Check out
25 that website as well.

1 And now, Ann DuBay is going to cover upcoming
2 community meetings, so thank you.

3 ANN DUBAY: Hi, thank you. I'm Ann DuBay,
4 public information officer with the water agency. And
5 there's a lot to digest in the biological opinion as you
6 know. And there's a lot for the community to digest and
7 a lot of questions. So starting in early November, we
8 are holding a series of community meetings. Each
9 meeting will take place from 6:30 to 9:00 o'clock. And
10 from 6:30 to 7:00, it will be an open house where you
11 can come and look at maps and look at documents and talk
12 to staff informally one-to-one. And then at
13 7:00 o'clock, we'll go ahead and start with some staff
14 presentations, and there will be plenty of opportunities
15 to have questions answered and to ask your questions.

16 So the first meeting will be in Healdsburg,
17 and the focus of that meeting is going to be the Dry
18 Creek changes. So Dave and other folks will go into
19 more details about what's being proposed in Dry Creek.
20 That will be Villa Chanticleer.

21 The second meeting is on the next night, on
22 November 6, and that will be in Guerneville at the
23 Veteran's Hall, and that's gonna be on proposed flow
24 changes.

25 And just as I see some of you writing, we

1 have -- you should have a blue handout, there's plenty
2 up front. This has all the meeting dates and times on
3 it, so you want to make sure you grab one of these.

4 The third meeting is on Thursday, November 13,
5 and that's up in Ukiah. And that would be the board of
6 supervisors chambers. The focus on that meeting will be
7 on flow changes also.

8 The then fourth meeting is in Jenner. As
9 Dr. Hearn mentioned, that's going to focus on estuary
10 adaptive management.

11 So I hope to see you there at those meetings.
12 They're open. Please tell the folks in your communities
13 about them. And there will be information posted on the
14 water agency website. You go to this RRIFR logo, the
15 Russian River instream flow and restoration logo. Click
16 on that, along with other information.

17 Thank you very much.

18 CHAIRMAN TIM SMITH: Ann, have we made the
19 information available to these folks where the
20 biological opinion can be --

21 ANN DUBAY: Yeah. The biological opinion can
22 be downloaded or looked at from our website. You go to
23 that RRIFR logo and click on it. And there's a
24 biological opinion, there's also a press release on
25 that. We will have up on that site the frequently asked

1 question handouts that all of you should have picked up
2 outside, and community meeting information, so...

3 CHAIRMAN TIM SMITH: Very good. Thank you. I
4 think it's the -- the hope that the PPFC is a
5 requirement under the biological opinion will require
6 ongoing participations, and my suggestion simply is to
7 wait until we have the issues assessment completed this
8 spring.

9 And the PPFC in my mind should reconvene at
10 that point. If there are written or I should say
11 requests for public speakers, people will fill out cards
12 and should be happy to get those. And as they are
13 making their way forward, I just might say that we, in
14 fact, do now have a road map for improving our
15 fisheries.

16 And I think it's everybody's interest in this
17 room to see that we do our best to bring those fisheries
18 back to healthy status and hopefully at some point in
19 the future get them off the Endangered Species Act.

20 And really, so many people have worked so hard
21 in preparing what I think is a very thorough documents.
22 These efforts are doable. I know that they come with
23 some degree of work and some degree of controversy about
24 some of the suggestions. But I think the bottom line as
25 I understand it is that we do have this blueprint, it's

1 a final document.

2 It is what we're going to have to achieve and
3 I hope that people will certainly put their best foot
4 forward in helping all these agencies and parties in
5 actually getting these info letters.

6 So I think this is really high mark day and
7 hopefully, we'll make all this a reality.

8 First, Jake Mackenzie, please.

9 JAKE MACKENZIE: I don't know how my card got
10 up there so quickly, but, Mr. Chair, I'm pleased to be
11 here this evening. I stand in front of you as the chair
12 of the water advisory committee.

13 This is a committee, which as you well know
14 and your colleague, Mr. Kelley, well know, represents
15 the eight contractors, which has a relationship for the
16 wholesaler of water in Sonoma County Water Agency and
17 has been noted in the frequently asked questions
18 document. There are going to be potential impacts on
19 the 600,000 people that we represent. That number has
20 previously been mentioned.

21 And as someone who at the moment is running
22 for reelection and is out walking in the streets of
23 Rohnert Park, the cost of water is something that is on
24 the minds of at least 43,000 citizens of the 600,000.

25 We, having just introduced an increase in

1 water rates based on the increase of water per acre foot
2 from our wholesaler, the Sonoma County Water Agency.
3 And of course, the questions and the facts that are of
4 interest is how much will this project cost, and then
5 who will pay for it. And the rate payers are mentioned.
6 Then it says, if there is less water in the creek won't
7 that mean less water for the people.

8 And does the biological opinion require
9 pipeline to be built from Lake Sonoma to Russian River?
10 We've heard something about that this afternoon.

11 And so before I make a couple of statements
12 and sit down, I'd just like to say first of all,
13 congratulations on the acronym. This is a splendid
14 acronym. RRIFR, it rolls off the tongue. It tells you
15 what you're talking about, it's very elegant. And I'm a
16 creator of acronyms in my old career in the U.S. EPA, I
17 was renowned for acronyms, but this is quite excellent.

18 Secondly, this, in fact, is a very significant
19 document. And those of us in the contractor group, and
20 I include our technical advisory committee, the chair of
21 which is here with us this afternoon, Chris, if you
22 could just be recognized, and our water advisory
23 committee which consists of elected officials, we have
24 been following and have been involved to some extent in
25 this process.

1 And we have -- in fact, some of us have gone
2 back to Washington DC and lobbied and talked about the
3 need for this to be issued promptly. And I guess now is
4 prompt because here's the day, finally, after all these
5 years. So, we, as contractors clearly have a
6 significant interest in what is now a final document.

7 We expect to be involved, our attack meeting
8 on Monday coming up. This will be discussed when we
9 meet as the water advisory committee on the first Monday
10 in November. This will be discussed. I guess, we'll be
11 interviewed it would seem by these ladies who were over
12 on the left there, and we'll look forward to that.

13 But I think just in conclusion, Mr. Chair, we
14 will be working with you, we do promise our cooperation
15 both of the technical and at the elected level. We have
16 and we are going to be significantly impacted by the
17 implementation of this biological opinion.

18 We have a record of putting money into
19 projects to help in the restoration and the protection
20 of fishes, and we'll continue to do that.

21 But I do have to say that we also must be
22 aware of costs. There are a lot of very unhappy rate
23 pairs out there who are recognized in here as some of
24 the people to pay for this. And when we conserve, when
25 we put into effect interim -- you know, our conservation

1 measures, 15 percent for the last two years, to be
2 interim flow requirements to help protect the fishes,
3 and when our customers reduce their consumption of
4 water, and then we go to budget discussions with the
5 Sonoma County Water Agency. And the cost per acre of
6 foot of water goes up because we're using less, that
7 logic does not appeal to the rate pairs. They do not
8 understand it.

9 There tend to be concerns now with these
10 pocket book issues, and we who are involved in this know
11 that this is essential for the preservation of the
12 species. But I'm just here to say that we must have an
13 outreach program that is not just talking to the people
14 who are concerned at the mouth of the Russian River, not
15 just the people who are concerned about what habitat
16 restoration may go into the Dry Creek, but those 600,000
17 people who are going to be asked to pay part of this
18 cost.

19 So thank you, Mr. Chair, thank you panel, and
20 thank all of you for the hard work that's gone into
21 this. Much appreciated.

22 CHAIRMAN TIM SMITH: Great. I'm sure the
23 ladies that you mentioned have taken down those very
24 suggestions about how we're going to access the 600,000
25 people.

1 And your talk, Mr. Mackenzie, reminds me I'm
2 supposed to admonish people to hold their comments to
3 two minutes.

4 JAKE MACKENZIE: I missed that.

5 CHAIRMAN TIM SMITH: By a mile, but we're
6 gonna ask people to please move along as quickly as they
7 can.

8 First, Suki Waters. Is Suki here? Yes,
9 please.

10 SUKI WATERS: Hi, I'm Suki Waters. I'm from
11 Jenner, California. I went to a one room school house
12 there. My great, great, great grandmother actually was
13 at Fort Ross when the Russians arrived.

14 I have several questions that came up. I just
15 became aware of this a few days ago. I'm sure I'll have
16 more after I get through the 380 pages of biological
17 opinion.

18 I believe just from right off the top, that
19 there's many more questions that need to be asked prior
20 to actually purposely blocking off the mouth of the
21 river.

22 Historically, yes, the mouth would close a
23 lot, but since the Redwood logging industry and the
24 formation of the town in Jenner, people have built
25 within the normal floodplain. So I'm sure that there's

1 going to be a lot of questions asked and need to be
2 addressed how to prevent flooding.

3 And also, we have the harbor seal colony
4 there. And study show that when the mouth is closed,
5 the harbor seals are impacted by more human and dog
6 issues up on the colony. I suspect that if the mouth
7 were to be closed permanently, that it is possible that
8 the colony could be impacted to the point of no longer
9 existing.

10 Also, there's many other wildlife within the
11 estuary. We have a lot of shrimp, and these are estuary
12 shrimp. And I'm curious as to what the changes in
13 salinity over extended period of time, and how would
14 that affect them.

15 Now, granted, ideally, we would have never
16 have done the work on the jetty in the late '20s and
17 early '30s. That also impacted a lot of things in the
18 area. Things have changed since European contact. For
19 example, in the original work on the jetty, what lies
20 underneath that Goat Rock parking lot is a very
21 productive historic plant bed that the native village
22 relied on there. We've changed things over the years to
23 the point where there's many things that can't be
24 changed back just by closing the mouth up.

25 I think we need to take further studies in

1 finding out what can actually be repaired and what
2 can't. And being that there are studies that also shows
3 that if we don't make changes, and I understand why you
4 want to make changes for the salmonoid and steelhead
5 populations, but if things don't change the way we've
6 been going, we may no longer have a fishery as early as
7 2040.

8 So I understand the concern here. However, at
9 the same time, I have concerns that since these changes
10 have made, we have run off that comes from the streets
11 from Santa Rosa and from upstream.

12 All any toxic run off, anything that comes in
13 that filters there through the river, and all those
14 downstream, and we're talking about blocking that out up
15 at the mouth of the Russian River and filter that
16 through the sand berm where our local public and
17 wildlife frequents, and so I'm also curious if there's
18 been any studies on that.

19 CHAIRMAN TIM SMITH: Suki, I'm gonna have to
20 ask you to conclude, and what we'll do is the folks here
21 are happy to discuss some of this with you. And also,
22 there will be more forums. And one of the beauties
23 about adaptive management is that it's going to be a
24 work in progress as Dr. Hearn, Mr. Butler referred to,
25 is that we're going to get through all of these things,

1 and we certainly won't do it tonight in the next two
2 minutes. But I think these are fair questions and I
3 would encourage you to deal with Ann or -- either Ann or
4 the ladies from the -- forgot their name.

5 ANNE CREALOCK: Center for Collaborative
6 Policy.

7 CHAIRMAN TIM SMITH: Yes. That would be the
8 greatest form to take it out.

9 SUKI WATERS: One other comment now, we're
10 just starting to get our tulle beds back that were
11 historical for the coast Miwok and the Pomo they're tuna
12 boats for fishing and collecting and we do make boats --
13 those are just starting to come back.

14 CHAIRMAN TIM SMITH: Thank you for being here.
15 I appreciate that.

16 I have a note here from Vesta Copestakes, is
17 it? Yes, and I don't know if you have a comment or
18 you're asking?

19 VESTA COPESTAKES: Yeah, I do.

20 CHAIRMAN TIM SMITH: Come on up. I think it
21 has to do with Green Valley Creek -- having a hard time
22 reading this, but you were curious about a project with
23 that had to do with Green Valley Creek?

24 VESTA COPESTAKES: Yeah. One of things that I
25 heard was that one of the three streams that still has

1 fish is Green Valley Creek. And A number of years ago,
2 the Forestville Chamber of Commerce sponsored a --
3 Planning Association sponsored a Green Valley Creek
4 restoration project.

5 And a number of volunteers have carried it on.
6 And the water agency was somehow called to funding part
7 of that as well. It's been a number of years that this
8 project has been going on, and I'm wondering if the
9 project is why the fish are still there.

10 Are these volunteers responsible for making
11 sure the fish are still there, would the fish still be
12 there if the volunteers had put all these hours and
13 hours and hours of efforts into it. It's both --

14 CHAIRMAN TIM SMITH: I don't know how to
15 answer that question. Absolutely, not the fish wouldn't
16 be there.

17 VESTA COPESTAKES: So that's really the
18 volunteers --

19 CHAIRMAN TIM SMITH: I haven't lost my desire
20 for elected office.

21 VESTA COPESTAKES: They're out there every
22 Sunday. They still carry buckets of water to make sure
23 the fish have pools of water.

24 CHAIRMAN TIM SMITH: It's great stuff.

25 VESTA COPESTAKES: And it sounds like it's

1 similar to some of the restoration you're talking about
2 because it's bank restorations, it's creating places for
3 fish to hang out and have pools, et cetera.

4 CHAIRMAN TIM SMITH: Very good.

5 VESTA COPESTAKES: And the other question I
6 have was around the 600,000 people who would be impacted
7 by less water if we were to do that. They still have
8 lawns, and of course this is my own personal mission is
9 to eliminate all lawns in California.

10 So water conservation may have been cut down
11 by 15 percent but it doesn't seem to be enough. Is
12 there anything in the future that would simply eliminate
13 lawns. I mean, even the water agency in Forestville has
14 a lawn. I'm not getting why there are all these lawns?

15 CHAIRMAN TIM SMITH: Like I said, I haven't
16 lost my instincts for political office, and I'm not
17 going to answer that one at the moment. But I do
18 appreciate the message, though, which is a serious one,
19 the conservation.

20 I mean, if you take a look at the county
21 center, for example, we're doing xeriscape and nonwater
22 required planting. I think you'll see more of that in
23 the future, not less. Thank you.

24 Tom Roth from Congressman Lynn Woolsey's
25 office?

1 TOM ROTH: Thank you very much, Chairman
2 Smith. And thank you very much to the Public Policy
3 Facilitating Committee, did I get that off? And the
4 Corps of Engineers and the water agency for putting
5 together this meeting. It's very informative.

6 I think it's a good start of the very long
7 process that we're all going to go through, and there's
8 probably going to be a lot of agony as well as pride,
9 hopefully, at the end.

10 I have a lot of questions which I'm not going
11 to take up the time to ask right now, but I have one
12 really basic question that I'd like to ask Dr. Hearn.
13 And that is, what constitutes success for this project?

14 Do you have numbers that you're aiming for?
15 Do you have goals of how many fish, how many coho, how
16 many steelhead should be in the Russian River system.
17 Is there a minimum, is there a maximum and how -- if you
18 do have numbers, how did you determine this?

19 DR. BILL HEARN: We're basically approaching
20 it from more of a habitat standpoint. We know through
21 lots of analysis, I won't go into that, the closure of
22 the estuary could -- should be a much more productive,
23 more natural system.

24 And so we have a monitoring program to look at
25 their biological response to our efforts, and we want to

1 close the estuary. And we believe that that, you know,
2 that would be considered, if you're looking for success,
3 that would be success relative to the estuary.

4 In Dry Creek, the flows and the quality
5 habitat is basically blown away by the high flows. And
6 so therefore -- then we looked at it and it looks like
7 much lower flows would be better. But as David said,
8 well, you could have a pipeline.

9 And in fact, we were pursuing a pipeline for
10 years until only just this year. And it's expensive,
11 and it would take 15 years. And so therefore, we're
12 looking at trying to fix that high velocity habitat
13 problem by putting in the pool riffle habitat, the
14 velocity refugia fixing it up. And we'll be looking at
15 the biological response to that, but we don't have a
16 number of fish. But we do have the enhancement of that,
17 habitat. And we have clear statements as to how much
18 habitat should be fixed. I would say that those are two
19 principal objective criteria.

20 And by lowering the flows in the summer in the
21 upper Russian River, we have found that the quality of
22 the habitat would be markedly improved as well. So by
23 doing that, you have increased enhanced production up
24 there as well.

25 TOM ROTH: Thank you very much, and I look

1 forward to talking to you.

2 CHAIRMAN TIM SMITH: Thank you for coming,
3 Tom.

4 Next is -- if I'm reading this correctly, Zeno
5 Swijtink?

6 (Reporter interruption.)

7 ZENO SWIJTINK: S-W-I-J-T-I-N-K, Z-E-N-O.

8 So I had a question also for Bill Hearn. The
9 river to me is a very complex and interrelated system.
10 And a project like this will be like the effects of a
11 particular interference with the system.

12 And obviously, there are many other effects or
13 project that goes on in the river constantly that affect
14 the same variables that you're looking at. And so in
15 this biological assessment to you in the opinion, you
16 proposed a number of measures, and my concern is that
17 how are they going to interrelate the other projects in
18 the watershed.

19 DR. BILL HEARN: Say that again?

20 ZENO SWIJTINK: How are you going to work
21 together with other people that also do project in the
22 watershed? It seems like you kind of operate under the
23 assumption that this is the only thing that's going on
24 in the watershed.

25 And in particular, you spoke some of those,

1 I'm a member of the Russian River Water Council. And
2 there is a project that has been funded by the Army
3 Corps of Engineers for years, which is called the
4 Russian River adaptive management system.

5 And so the question is, why these two adaptive
6 management projects in the watershed should we not spend
7 our tax money kind of more sensibly than having all
8 these special projects. And in relation to that, I
9 wonder what's the board review of project. You
10 mentioned the interdependent effects.

11 So for example --

12 CHAIRMAN TIM SMITH: Mr. -- Zeno, if I may,
13 why don't we give Dr. Hearn a chance to respond to you?

14 DR. BILL HEARN: I would love to be able to
15 just answer what -- respond to what you said. We're
16 looking at the project which we have defined. The
17 project which is the flood control, water supply
18 operations of the Corps and Sonoma County water agency,
19 and channel maintenance activities.

20 And that is the project we're looking at.
21 We're providing take authorization for that project, and
22 we're looking to see what is the effect of those very
23 activities on the fish.

24 And granted there are lots of things, I mean,
25 there's agriculture, there's road building, there's

1 gravel mining, you name it, there's lots of things that
2 are happening, but we're not consulting on this
3 biological opinion on all of those other nonproject
4 activities.

5 ZENO SWIJTINK: No, no. I understand.

6 DR. BILL HEARN: So we're focused on that,
7 those projects, this project, and what do we do in order
8 to minimize the effects of it. And so we have analyzed
9 that and we end up with these particular recommendation.

10 ZENO SWIJTINK: Okay.

11 Let me then just finish with a -- kind of this
12 follow-up question here. What is the borderline of this
13 project? For example, you mentioned this concept of
14 interdependent effects?

15 For example, summer flows diverted from the
16 Russian River main stem both by the water agency and by
17 people that have water rights and probably by a number
18 of other people. Now, in a way, that is a effect of the
19 project that was in -- would you disagree? The effect
20 that people can divert in the summer flows from this
21 water, is an effect of the project.

22 DR. BILL HEARN: Correct.

23 ZENO SWIJTINK: And so then the question is,
24 have you looked into that?

25 DR. BILL HEARN: Yes.

1 ZENO SWIJTINK: Because often that water flows
2 back into the river heat control or other functions in
3 the -- on the -- by the people that take the water out.

4 DR. BILL HEARN: We did look at that. For
5 example, we looked at the water temperature affect. We
6 look at the water temperature in the Russian River, in
7 the main stem of the Russian River. So we have a handle
8 on that, and that incorporates the existing water
9 diversions. I mean that --

10 ZENO SWIJTINK: Including the illegal
11 diversion?

12 DR. BILL HEARN: In fact, yes. Correct.

13 ZENO SWIJTINK: And that's somewhere in
14 your --

15 CHAIRMAN TIM SMITH: I think I'd suggest that
16 you read through the document, and if you'd like to, I'm
17 sure that Dr. Hearn --

18 ZENO SWIJTINK: Thank you.

19 CHAIRMAN TIM SMITH: Thank you very much. We
20 have a couple more speakers. David Keller?

21 DAVID KELLER: Good evening. I want to thank
22 you all for the work that you've done on this. It's
23 remarkable to see you all in one place at one time.

24 Thank you.

25 David Keller, Friends of Eel River Bay Area

1 Director. Needless to say, as you're well aware, the
2 source of a good deal of the summer flows in the Russian
3 River through Lake Mendocino are Eel River water.

4 And so first of all, in terms of the public
5 outreach, I think it's really important -- glad to see
6 Supervisor Delbar here, but I would like to see outreach
7 into the Eel River watershed that is affected by the
8 diversions, so that means Mendocino Humboldt County as
9 well. They're stakeholders in the outcome of this and
10 will be affected, and I appreciate meeting or
11 solicitation of information and opinions from there.

12 Secondly, how does this biological opinion
13 process that you outlined in detail here, how will this
14 affect the timing on the water agency, WSTRP EIR, which
15 was being held off until this is complete or are there
16 significant changes that need to be made to the EIR, is
17 anybody have an estimate on what the timing of that
18 right now.

19 CHAIRMAN TIM SMITH: I believe -- I don't know
20 if we have a time certainly for -- maybe Pam or Jessica
21 can tell me what the release...

22 We don't know. They're going to have to go
23 through the opinion and pull the pieces out but
24 obviously, you'll be certainly notified when it comes
25 out.

1 DAVID KELLER: Okay.

2 I appreciate that. Following up on Zeno's
3 questions about other diversions, other impacts. This
4 focuses as you described particularly on the joint
5 operations of Corps of Engineers and the water agencies,
6 and to a lesser degree, the Russian River's districts
7 operations, primarily of two dams and two reservoirs and
8 releases from that.

9 And yet, the flows in the river, particularly
10 the summer base flows, are composite of far more than
11 what comes out of the dams. And as so Zeno was saying,
12 a critical component is looking at legal and illegal
13 diversions. And pumping from the river, both from
14 tributaries and ground water, that has to be part of the
15 solution as this loss of soil cover through logging
16 operations, through vineyard expansion, and all that,
17 leads to a question again from the Eel River
18 perspective.

19 If flows are reduced in the Russian River
20 during the summer, does that water get to stay in the
21 Eel River because we sure think it should. We have fish
22 that are in trouble there. They need water. And if we
23 continue operating the system as if the Eel River is
24 merely unidentified and endless supply of water for the
25 Russian River, neither the Russian River nor the Eel

1 River will ever get to being cured, and that's really
2 critical.

3 Another piece, of course, you have to deal
4 with is the gravel mining and the impacts on the aquifer
5 storage in the Russian River. That needs to be part of
6 your calculations on this.

7 Thank you very much.

8 CHAIRMAN TIM SMITH: Thank you.

9 Brenda Adelman, and then Mr. Phillip Gitchell.

10 BRENDA ADELMAN: Thank you.

11 This has been a very good meeting with lots of
12 good explanations about what you're doing and a good
13 start to this process.

14 I had a lot of concerns about flows, but I'll
15 save that for the Guerneville meeting and concerns about
16 the estuary and it will be out in Jenner.

17 But there's one issue that wasn't brought up
18 at all that I've been very concerned about all along.
19 And I have an article here that was -- came through
20 e-mail on July 31st, '08 about the National Marine
21 Fisheries Service will review the effects of 37
22 pesticides on salmon and steelhead under a lawsuit
23 settlement reached about that time. They'll complete
24 reviews over a four-year period. The first deadlines
25 are in October, they're supposed to finalize three

1 biological opinions on organophosphate pesticides, and
2 most of it found in California and Pacific Northwest in
3 rivers used by salmon and steelhead.

4 I'm just wondering if this is going to be
5 looked at at all. I have a lot of concerns about
6 emerging contaminants besides the pesticide issue.
7 You've all heard about it a lot.

8 Thus far, nobody wants to do much about it
9 because it's such a difficult issue. We continue to
10 discharge a lot of waste water. We have run off from
11 urban areas. We have agricultural operations all
12 contributing to the problem. And while I think your
13 efforts are fine and may end up in really good results,
14 it just seems to me that this is also an essential
15 aspect of this.

16 And if there isn't some activity along that
17 line, concurrently, then you may be wasting time and
18 money with this other efforts. So just seems like both
19 things have to be pursued. And my question to Dr. Hearn
20 is, will NMFS be doing anything along these lines as a
21 result of this lawsuit that happened up north? Thank
22 you.

23 CHAIRMAN TIM SMITH: Thanks, Brenda.

24 DR. BILL HEARN: I hear your concern about
25 that. I'm not the person to talk to quite frankly. I

1 mean, I'm aware of the consultations concerning
2 pesticides but I really am not -- it's not my bailiwick.
3 And I have not -- I don't know the details quite
4 frankly. Dick, do you have a handle on that?

5 DICK BUTLER: No. I think that consultation
6 is being conducted back at our headquarters. We are not
7 directly involved. We're concerned about those kinds of
8 contaminants.

9 CHAIRMAN TIM SMITH: Phillip Gitchell. And
10 again, we are running about half an hour behind, so I
11 really appreciate it if you could move as quickly as you
12 can.

13 PHILLIP GITCHELL: Thanks a lot for showing up
14 here. I definitely want to see something work here for
15 the estuary to get better if it's feasible. But from
16 what I'm seeing here, it's seems like they want to see
17 if it's feasible afterwards. Do it and then see if the
18 end result is better.

19 And basically, the river is deeper than 3 feet
20 to 8 feet, and is deeper all the way up. And from what
21 I can see here, the only reason that it would not be
22 that deep is because we would be cutting the flow from
23 180 cc down to 70 cc, which is less that half. And that
24 would be the only reason why it would get that shallow.
25 And the only reason why you would need to make a dam

1 there and try to turn it into a lake. And the river
2 does open up by itself.

3 If it were not to flood, in fact, it would
4 actually open up on its own. You also have, if it were
5 closed completely, I don't see any issue here about
6 estuary fish passages.

7 How are salmon from the wild gonna come from
8 the ocean and get in as well as shad and other types of
9 fish that are coming in, and let's see. Basically, from
10 what I can see, the town of Jenner should receive the
11 same evaluation process, the Coyote Creek and Warm
12 Springs Dam, concerning basically environmental
13 socio-economic and the recreational impact. So that's
14 all I have to say.

15 CHAIRMAN TIM SMITH: Okay.

16 Thank you very much, Mr. Gitchell.

17 Chuck Williams? Chuck Williams, and then I'm
18 going to wrap this up.

19 Mr. Williams?

20 CHUCK WILLIAMS: Yeah. I have two questions.

21 First one is you mentioned the east fork, that there's a
22 problem with the east fork drying up during dam
23 inspection, and I have two parts of that question.

24 Is that I understand historically not only
25 that tributary, but also the main Russian River

1 virtually dried up into trickle and pond type style, so
2 I'm wondering what really is, what's the exact impact
3 that virtual drying up has in this some other fish.

4 The other second part of that question is, so
5 what, it's above the Lake Mendocino, and there is no
6 fish ladder. So how does the east fork of the Russian
7 River impact anything with salmonoids?

8 DR. BILL HEARN: That's easy. We're talking
9 about the east branch downstream from Coyote Valley Dam.
10 We're not talking about east branch above Lake
11 Mendocino, downstream from it.

12 CHUCK WILLIAMS: Downstream.

13 DR. BILL HEARN: Downstream from --

14 CHUCK WILLIAMS: But what's that, only about a
15 mile long?

16 DR. BILL HEARN: That's correct. And every
17 year, the Corps does a safety inspection. They do their
18 thing, they check out the dam and its facility, and they
19 just flip off the switch, and there's no water in the
20 east branch.

21 LT. COL. LAURENCE FARRELL: If I can
22 interject, this year it was in the Press Democrat I
23 think it was front page, Lake Sonoma we're able to
24 conduct the inspection with the water.

25 DR. BILL HEARN: Lake Sonoma?

1 LT. COL. LAURENCE FARRELL: Correct. And we
2 shut it off just for safety. You can't bring people
3 into that channel with that water. It would be a risk
4 to their safety, but we were able to put them on a
5 vehicle, so we do not perceive any need to shut water
6 off any more in Lake Sonoma for the annual inspection.

7 And for Lake Mendocino, we have not tested it
8 yet, so we do not know if it would work because the
9 outlet structure is different. But for Sonoma, the
10 problem is effectively solved. We didn't have to shut
11 the water off this year. We do not perceive the
12 requirement to shut the water off in the future. But at
13 Lake Mendocino, until we test it, we don't know.

14 CHUCK WILLIAMS: And the historical effect, in
15 other words, in the past, before we started messing
16 around with the river, it went dry in the summertime
17 anyway, or virtually dry, so what's the impact of drying
18 up now.

19 DR. BILL HEARN: Before they built Lake
20 Mendocino?

21 CHUCK WILLIAMS: And before Lake Pillsbury was
22 diverted into it, yes.

23 DR. BILL HEARN: What's different is that we
24 have steelhead listed under the Endangered Species Act,
25 and when they die, that's not good. And so therefore,

1 we need to have some minimization of that. And so
2 therefore, the biological opinion calls for -- has a
3 term and condition for a minimum bypass for pipe that
4 would provide 25 CFS down right below the dam in order
5 to avoid dewatering of that east branch.

6 CHUCK WILLIAMS: So is that 25 CFS similar to
7 what would have been on the river, that section of the
8 river historically before we started messing with it?

9 DR. BILL HEARN: What you have is you have a
10 different situation. It is not the 1880s, so you have
11 steelhead living in the channel where they may not have
12 lived, but there they are. And when they die, that's
13 not a good thing. We're trying to protect them.

14 CHAIRMAN TIM SMITH: Thank you very much. If
15 you have other questions, you're going to have to wait
16 and you can talk to Mr. Learn.

17 CHUCK WILLIAMS: I did have another question.

18 CHAIRMAN TIM SMITH: You can wait -- I'm gonna
19 provide an opportunity, I had a request, supervisor
20 Delbar I believe you had a comment you wanted to make?

21 SUPERVISOR MICHAEL DELBAR: Thank you,
22 Mr. Chairman.

23 This PFFC is actually a very unique process
24 for a Section 7 consultation. And I want to take this
25 moment, if I can, Mr. Chairman, to thank the Corps, at

1 that time it was the Colonel Thompson, and the Sonoma
2 County Water Agency for creating, really, this open
3 process and involving Mendocino County interests as
4 well.

5 And I think that having the public and you
6 said this is 20th meeting, give or take, of the PFFC,
7 we've bounced between Ukiah and Santa Rosa, having that
8 public process and public inputs into a Section 7
9 consultation as resulted in a very high quality BO here,
10 and I think that's only possible because of that --
11 because of this process that these entities that set up
12 at the beginning some 11 years ago.

13 And while there may be unlikely parts of this
14 BO that folks are not happy with then as many questions
15 that had come up as we go, as you stated, this is the --
16 I think you said the blueprint to fisheries management
17 in the Russian River and Dry Creek system.

18 And so the last thing I'd like to say is to
19 thank you for your leadership on this committee and your
20 chair of this committee for the last 11 years, since
21 1997, as we sat up here, and my colleagues from Sonoma
22 County -- we went through these 20 meetings and listened
23 to the comments and the inputs. And I know I've learned
24 a tremendous amount. I know this is your last PFFC
25 meeting, and I did want to thank you from those of us

1 from Mendocino for your leadership on this committee.

2 CHAIRMAN TIM SMITH: I appreciate that. Thank
3 you very much, Michael. I do appreciate that. Other
4 comments from anybody before we conclude?

5 If not, I just like to thank you all for your
6 kind attention and your questions and sticking with us,
7 and certainly our panel of experts and all the people
8 who made this meeting possible.

9 And again, to NMFS and the Corps and Fish and
10 Game, certainly, and our water agency staff, thanks a
11 million because I do think we have a good project.

12 Thank you all.

13

14 (Whereupon, at 6:45 p.m. the proceedings
15 were adjourned.)

16

* * * * *

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I, Megan Alvarez, a Certified Shorthand Reporter, hereby certify that the foregoing proceedings were taken in shorthand by me at the time and place therein stated, and that the said proceedings were thereafter reduced to typewriting, by computer, under my direction and supervision;

I further certify that I am not of counsel or attorney for either or any of the parties to the said proceedings, nor in any way interested in the event of this cause, and that I am not related to any of the parties thereto.

DATED: _____

MEGAN F. ALVAREZ, RPR
Certified Shorthand Reporter
License No. 12470